

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

VOLUME 6

BEFORE THE OFFICE OF ADMINISTRATIVE HEARINGS
OF THE STATE OF MINNESOTA

IN THE MATTER OF AN APPLICATION
FOR A CERTIFICATE OF NEED FOR
CONSTRUCTION OF AN INDEPENDENT
SPENT FUEL STORAGE INSTALLATION

OAH DOCKET NO. E-002/CN-91-19

715 American Center Building
150 East Kellogg Boulevard
St. Paul, Minnesota

Met, pursuant to notice, at 9:00 in the morning on
November 25, 1991.

BEFORE: Judge Allan W. Klein
-REPORTER: Lori A. Case

COPY

SHADDIX & ASSOCIATES

1 the cask itself.

2 Q What kinds of explosives did you subject the cask to
3 during the mid '70s?

4 A The information on the precise explosive attacks is
5 classified. We used eight different methods of
6 attack. The two methods that are generally public
7 knowledge are bulk explosives and shaped charges.

8 Q These were both types of explosives used by the
9 military?

10 A Shaped charges are used by the military. The bulk
11 explosive replicated an attack on the University of
12 Wisconsin applied mathematics laboratory in 1973, I
13 think it was, in which 4,000 pounds of an explosive
14 known as ANFO -- that's A-N-F-O -- were used to
15 destroy that laboratory.

16 Q Is ANFO a military explosive or a commercially
17 available explosive?

18 A It is a popular low-grade terrorist explosive.

19 Q Are the results of those tests published anywhere?

20 A They are published, but classified.

21 Q And then in your direct testimony you refer to
22 Sandia's scale modeling effort and full scale attack
23 on a cask in the early '80s. Is that in 1983?

24 A I don't recall the exact date, but that would be
25 about the right time frame, yes.

SHADDIX & ASSOCIATES

1 A The M-3A1 is still currently in the military
2 inventory.

3 Q It was initially used during World War II?

4 A Correct.

5 Q Isn't the M-3A1 designed to create a large hole?

6 A It is primarily designed to blow holes in concrete
7 structures.

8 Q But it isn't what they would call a focused charge
9 or something that would create a small hole, a small
10 penetrating hole; is that correct?

11 A As a matter of fact, a shaped charge if it is not
12 focused is not a shaped charge, it doesn't function
13 as a shaped charge unless it is focused.

14 Q I see. So it is focused, but its design is to
15 create a large hole; is that true?

16 A It is a large diameter munition designed to create a
17 large hole, that's true.

18 Q There are more focused explosives, and by that I
19 mean explosives that are meant to create a smaller,
20 more penetrating hole, manufactured today; is that
21 true?

22 A There are.

23 Q Would you agree that the types and availability of
24 explosives, both military and commercial, have
25 changed quite a bit in the last 50 years since World

1 War II?

2 A They have.

3 Q Would you agree that the types and availability of
4 explosives have changed significantly since the
5 early '80s when you did the Sandia testing?

6 A Yes, but understand that the changes in explosives
7 since the early '80s have to do with application
8 more than energy.

9 Q Would you agree, then, that the M-3A1 is
10 significantly outdated by modern armor piercing
11 weaponry made of depleted uranium used in the Gulf
12 War?

13 A Please restate the question. I didn't understand
14 the whole thing.

15 Q I will.

16 THE JUDGE: If you take it a little
17 slowly, too.

18 BY MS. ZELLMER:

19 Q Are you familiar with the type of armor piercing
20 weaponry made with depleted uranium which was used
21 in the Gulf War?

22 A Vaguely so.

23 Q Wouldn't you agree that the M-3A1 is significantly
24 outdated by that type of weaponry?

25 A The M-3A1 is not an antitank weapon, so you are

SHADDIX & ASSOCIATES

1 A Exactly.

2 Q And they weren't subject to review by any other
3 nonmilitary or nongovernmental entities?

4 A It is very difficult to find cleared people to do
5 peer review.

6 Q So the answer is no?

7 A No.

8 Q Were commercial devices ever tested on casks at
9 Sandia?

10 A Yes.

11 Q Could you tell me what those devices were?

12 A No, ma'am.

13 Q Classified?

14 A Yes, ma'am.

15 Q Were those tests ever published?

16 A In the same report that I have referred to
17 previously.

18 Q So there are the same types of problems with peer
19 review of those types of tests; is that true?

A If you choose to call those problems, yes.

Q Couldn't a modern-day terrorist combine a commercial
high explosive device with a thermal source designed
to fire after penetration into the cask?

25 A I am not sure what sort of device you are talking
about. If you are talking about one which would

SHADDIX & ASSOCIATES

1 penetrate the cask and then fire something into the
2 cask afterwards, that's a bit more sophisticated
3 than most terrorists have access to. When I say
4 "most terrorists," I am excluding what are generally
5 called to be national level terrorists, in other
6 words, those who are backed by some government
7 somewhere.

8 Q State-sponsored terrorists?

9 A Right.

10 Q But you agree that to certain types of terrorists
11 the combination of those devices, thermal and
12 penetrating devices, would be available?

13 A To be very honest, that is not something I've
14 followed as of late, so I can't honestly comment on
15 that. I can say that the scenario you described is
16 very difficult to accomplish.

17 Q Aren't such combinations used in the antitank
18 weaponry we just discussed, the type which was used
19 in the Gulf War?

20 A What was used in the Gulf War is a projectile of
21 uranium behind a shaped charge. The combination
22 requires velocity on the part of the munition in
23 order to be effective, in other words, it is not a
24 stationary type of munition, you don't place it and
25 fire it and have it work. It requires to be fired

SHADDIX & ASSOCIATES

1 damage to the fuel inside the cask?

2 A It might increase damage very slightly, but you are
3 talking about a very large system and a very small
4 pellet. It is inconceivable that you could
5 introduce this flaming magnesium inside of the cask
6 and not have it quenched by all of the cold surfaces
7 that it meets there and very quickly would run out
8 of steam or out of energy.

9 Q Wouldn't the heat in the presence of air cause
10 reoxidation and dispersal of the spent fuel inside
11 the cask?

12 A You are getting into a very technical area. When we
13 did the test, penetrating a cask, the only fuel pins
14 that were disrupted were those that were in the path
15 of the jet that penetrated the cask. Likewise, if
16 you entrain this flaming magnesium into that jet,
17 those same pins would be the ones that were
18 disrupted. Furthermore, the disruption occurs only
19 over the diameter of the jet, which in the case of
20 the cask we did was about a quarter of an inch.

21 There is some subsequent damage to
22 surrounding pins from expansion, but that damage was
23 not disrupt -- totally disruptive in damage, it bent
24 pins and, in a few cases, it broke cladding. Even
25 if you do that, the amount of uranium that would be

SHADDIX & ASSOCIATES

1 release of radioactive particles?

2 A The shattering and what, now? I am trying to think
3 the thing through, what you just said.

4 Q Shattering and heating.

5 A And heating, okay. The heating would have little to
6 do with it since the primary disruptive mechanism is
7 the shock front from the explosive, and that would
8 indeed shatter the spent fuel. It would also
9 shatter fresh fuel.

10 I don't think there is any information
11 available one way or the other as to whether the
12 particle size distribution would be different,
13 although the spent fuel is already fractured,
14 whereas fresh fuel is not. So it is likely that
15 there would be a particle size distribution
16 difference. I just don't think you can determine
17 whether it would be towards smaller particle sizes
18 or larger particle sizes. Existing fractures would
19 tend to disrupt your shock front and cause a
20 different behavior.

21 Q And you just stated that spent fuel does have
22 existing fractures; is that right?

23 A Oh, yes.

24 Q I would like you to take a look at your rebuttal,
25 page 3, line 15, where you stated that the fresh

SHADDIX & ASSOCIATES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

to pop open, couldn't there be a release from that opening as well?

MR. BRADLEY: Objection, lack of foundation. She hasn't established that it would.

MS. ZELLMER: No, I am just asking a hypothetical question, if it had.

MR. BRADLEY: Lack of foundation.

THE JUDGE: Do you have any basis for this other than sort of your own reasoning, I mean, is there tests somewhere where this has happened?

MS. ZELLMER: No. The tests that he is referring to aren't published, so there is no way for us to know whether the valve was open or closed or --

THE WITNESS: The tests I am referring to were published.

BY MS. ZELLMER:

Q The Sandia tests were published but classified, correct?

A No. The tests you are talking about, where we actually penetrated a cask using a shaped charge, those conducted in 1983 were published in the open literature.

THE JUDGE: I am going to sustain the objection with regard to the valve.

1 instrumentation that was involved. Everything
2 possible about the test has been published.

3 Q Is that published in, like, a scientific journal or
4 is it just published independently as PATRAM minutes
5 or something like that?

6 A PATRAM is a peer-reviewed publication. It is a
7 peer-reviewed meeting. All of the papers must go
8 through a peer review before being presented.

9 Q A modern-day terrorist could use more than one
10 commercial explosive on a single cask, couldn't
11 they?

12 A Not very easily.

13 Q But they could, couldn't they?

14 A They would have to be quite sophisticated. In order
15 to assure proper placement, proper geometry, you
16 would have to have very accurate timing.

17 Q A modern-day terrorist certainly could use a second
18 device and a timer, couldn't they?

19 A It depends on the capabilities of the terrorist. If
20 you are talking about a state-supported terrorist,
21 that's perhaps possible. If you are talking about
22 the disgruntled employee or the Weathermen type
23 terrorists, those kinds of timing devices simply
24 aren't available.

25 Q But the answer is yes, that it is possible for

SHADDIX & ASSOCIATES

1 certain terrorists, true?

2 A. For certain terrorists.

3 Q. You, yourself, haven't tested any of the
4 Transnuclear casks to determine whether drain valves
5 or seals would hold up to high pressure and
6 temperature once penetration is achieved, have you?

7 A. No, I have not.

8 Q. Mr. Jefferson, what have you done in the last five
9 years to update your knowledge of explosives?

10 A. Other than keeping up with the literature, I have
11 not been directly involved in use or testing of
12 explosives in the last five years.

13 Q. What have you done in the last five years to update
14 your knowledge of the capabilities of terrorists?

15 A. The involvement that I have had in the last five
16 years in that area is a matter that, while not
17 classified, I have been asked not to talk about.

18 MR. BRADLEY: I don't want -- by NSP?

19 THE WITNESS: No, not by NSP.

20 MR. BRADLEY: Thank you.

21 THE WITNESS: From the State Department.

22 BY MS. ZELLMER:

23 Q. If you can tell me, does this -- was this conducted
24 in your role as an independent consultant on
25 transportation issues?

SHADDIX & ASSOCIATES

1 A Not in the direct sense. I was approached by
2 interests antagonistic to the United States and was
3 asked by the State Department to play a role.
4 That's all I am going to say about it.

5 Q Is it accurate to say, then, that your analysis of
6 terrorism and explosives on spent fuel casks for NSP
7 is based largely on your experiences at Sandia?

8 A That is correct.

9 Q And it is based largely on the early 1980's testing
10 at Sandia, to be more specific; is that true?

11 A That is correct.

12 * MS. ZELLMER: That's all I have at this
13 time. Thank you, Mr. Jefferson.

14 THE JUDGE: All right. Coalition.

15 MR. CROCKER: Thank you, Your Honor.

16 CROSS EXAMINATION

17 BY MR. CROCKER:

18 Q Good morning, Mr. Jefferson.

19 A Good morning.

20 Q My name is George Crocker, and I have just a few
21 questions for you this morning.

22 Were the tests that you conducted at
23 Sandia, the tests that achieved penetration, did
24 they penetrate casks that were pressurized?

25 A When you say plural, which tests are you talking

1 supplied by TN.

2 BY MR. CROCKER:

3 Q Can you give us some idea as to why that would be?

4 A Concrete is an easier material to fracture than
5 steel.

6 Q Mr. Jefferson, do you have an opinion on what would
7 be the most effective way to sabotage NSP's proposed
8 casks?

9 A Yes.

10 Q What would be the optimum number on an attack team
11 engaged in such an activity?

12 MR. BRADLEY: Mr. Jefferson, you know
13 better than I what is classified, so I will have to
14 rely on you.

15 THE WITNESS: You are leading me to the
16 very edge of classification, and I am reluctant to
17 step across it. Let's put it this way, it would be
18 more than two.

19 BY MR. CROCKER:

20 Q Less than five?

21 A I am not going to comment any further.

22 THE JUDGE: Mr. Crocker, I will just tell
23 you, I have some great discomfort trying to elicit
24 on the record recommendations from an expert like
25 this as to the best way to sabotage these things.

SHADDIX & ASSOCIATES

1 questions that you were asked by Ms. Zellmer and
2 Mr. Crocker. In answering one of Ms. Zellmer's
3 question you used the term "fracturing," and I think
4 you meant spent fuel. Could you define what you
5 mean by saying that the spent fuel is already
6 fractured?

7 A During use in the reactor, the spent fuel pellets,
8 the small individual fuel pellets themselves, do
9 undergo some fracturing, some cracking as a result
10 of the temperature swings during heat-up and
11 cool-down cycles.

12 Q Okay.. Following up on Mr. Crocker's question
13 regarding the pressure in the cask, if you had
14 several atmospheres of gas pressure inside the cask,
15 would that cause material to come spewing out of a
16 quarter-inch hole?

17 A It would cause, perhaps, a small amount of
18 additional material to come spewing out the hole,
19 but not a great deal, because it doesn't take a lot
20 of gas exiting the hole to reduce the pressure in
21 the cask to ambient again.

22 Q Would it be primarily the helium gas that would come
23 out of the hole or would it carry some materials
24 along with it?

25 A In the vicinity of the hole, those materials that

SHADDIX & ASSOCIATES

1 are already suspended in the gas as a result of the
2 explosive attack would in all likelihood be
3 expelled, but they might be expelled anyhow as a
4 result of the additional pressure you put in the
5 cask as a result of the penetration, so it is a
6 wash. I am not sure it would create any more
7 release or not.

8 Q Would there be some release of krypton 85?

9 A Again, that depends on a number of factors. I
10 assume that if you breach the cladding, you then
11 release all the krypton 85. That gas in the fuel
12 pin itself is under pressure and so therefore it
13 would expand into the cask volume and part of that
14 would be expelled through the opening in the cask,
15 if you were able to penetrate the cask.

16 MR. JACOBSON: Thank you. I think that's
17 all we have.

18 THE JUDGE: I had one question. A couple
19 of times now you have used the term "fuel pin." Is
20 that the same as fuel rod?

21 THE WITNESS: Again, I am not sure how
22 this hearing has been using the term "fuel rod." A
23 fuel bundle or a fuel element is composed of a
24 number of pins or rods. What I am talking to is the
25 individual string of pellets in a single cladding.

SHADDIX & ASSOCIATES

TESTIMONY

Because of NRC site requirements, NSP's proposed dry cask storage facility must fulfill many critical safety and security requirements.

Besides being vessels which must safely contain high-level radioactive waste for decades or longer, they must also be passive defensive systems. This is due to the limitations of the site and its inherent vulnerability.

When nuclear power plants are designed and constructed, serious consideration is given to the "hardness" of the reactor buildings and installations. Security for these installations have layers of redundancy. The reactor buildings have very thick reinforced concrete walls and ceilings. This is to contain any radioactive release that could occur from an accident inside the plant. It is also to keep the installation safe from acts of God--tornados--lightning--air plane crashes.

The thickness of the reinforced concrete is the main component of the security. Besides acts of God the walls are built thick to absorb the energy of a direct weapons hit. There are no windows in these buildings where any one from the outside can see or locate specific pieces of equipment. This makes accurate target acquisition very difficult. The thickness of the walls would absorb much of energy from a ATGW weapons strike. People on the inside of the building could be directly affected by this action but the amount of direct damage to equipment would be directly affected by the absorption of energy from the reinforced concrete walls and ceilings. The thickness of the buildings walls would directly affect the circular probability of error in relation to targeting a specific piece of equipment

perform this critical function. There is much documented evidence in the handout that would directly contradict these claims.

To be absolutely sure that the safety and security of NSP's dry cask storage facility can be maintained for decades certain critical documents and recommendations must be seriously reviewed. These documents and recommendations are explained in the hand out material.

Passive defensive systems have an inherent weakness. This weakness is their inability to adapt to different threat scenario's. The technical advances of weapon systems, ballistic's and ordinance have increased exponentially, man transportable ATGW systems are a multi-billion dollar growing world wide market. This market and the abilities of these weapon systems is documented in the hand out material. Because of this and other geo-political factors, the ability for passive defensive systems to adapt is seriously limited.

It is most important that the evacuation radius in relation to dry cask storage facilities be properly accessed. It must be established what environmental damage would occur from the uncontrolled release of high-level radioactive material from a damaged TN-40 dry cask. Economic and political compromises must not be the first priority for NSP's dry cask storage site. The safety and security of the citizens of Minnesota and the environment they live in must be the only priority. The only security criteria that can be met at NSP's dry cask storage facility is the limited ability to react to an occurrence, by then it's too late.

JANE'S WEAPON SYSTEMS

NINETEENTH EDITION

EDITED BY
BERNARD BLAKE

1988-89



ISBN 0 7106 0855 1

JANE'S YEARBOOKS

"Jane's" is a registered trade mark

HENNEPIN COUNTY LIBRARY


JAN 31 1989

Copyright © 1988 by Jane's Information Group, 163 Brighton Road, Coulsdon, Surrey CR3 2NX, UK

All rights reserved. No part of this publication may be reproduced, stored in retrieval systems or transmitted, in any form or by any means, electronic, mechanical, photocopying, recording or otherwise, without the prior written permission of the publishers.

In the USA and its dependencies

Jane's Information Group Inc, 1340 Braddock Place, Suite 300, PO Box 1436, Alexandria, Virginia 22313-2036, USA



HEAT



Above: High Explosive Anti Tank. On impact a lethal jet of molten metal and gas is directed through the armour.

The first CE shell embodied the hollow charge, or shaped charge, principle and is known as the High Explosive Anti-Tank (HEAT) round. The front face of the HE filling is hollowed out to produce a cone. A liner of copper or aluminium is placed in front of the cone. When the shell hits the tank the high explosive is detonated by a base fuse and the energy produced is focussed into a parallel sided gaseous jet - like light from a conical reflector. The jet, with the now molten liner carried with it, has a velocity of about 18,000 ft/s (5500 m/s) and although it weighs only a few pounds this velocity produces a very high kinetic energy which allows it to penetrate to a depth of approximately 3 times the diameter of the cone. A modern shoulder-fired 84mm recoilless anti-tank gun will penetrate 250mm (10in) of armour plate.

The effectiveness of the HEAT round depends not only on penetrating the armour but on the energy of the jet, liner and fragments of armour plate which pass through the hole into the interior of the tank to kill the occupants, cause fires and destroy equipment. Unlike the KE round, the effectiveness of the HEAT round is independent of its striking velocity so that a low velocity launcher carried by a single infantryman can be a very effective anti-armour weapon.

On target with deadly accuracy – time and time again.

The advanced FTS light anti-tank weapon system is the result of several years of research and development. It is fully capable of destroying conventional main battle tanks and it is effective at all angles – even head-on.

The ergonomically optimised design ensures a comfortable aiming stance in any of the firing positions. It is a one-man-portable weapon designed to integrate with existing infantry equipment.

The FTS has a warhead penetration in excess of 650 mm in rolled homogenous armour (RHA) steel. The launcher is re-usable, robust, has a life in excess of 200 firings and is durable so it can be handled, transported and stored under all conditions while the user-friendly design ensures no recoil at launch.

The FTS's four-power magnification sight and superior optical design enhances the remarkable accuracy of the system. Night sight capability is available and can be supplied off the shelf.

In the field of armaments, Denel's total capability spans the widest range of weapons, support systems, spares and munitions. It is also an acknowledged leader in design, development, manufacture, maintenance, upgrades and refurbishment.

To find out more about our systems, training and full logistical back-up service, and what they mean to you – contact:
Ferdj Stark, Director: Marketing on tel: (27-12) 428-0609 or
fax: (27-12) 45-2009. Denel (Pty) Ltd, PO Box 8322,
Heenapsmeer, 0046, Republic of South Africa.

D E N E L

For a better future



Eryx.

In urban combat conditions, the ability to counter enemy armor may spell the difference between victory and defeat.

So Aerospatiale developed Eryx, the ultra-light anti-tank missile capable of piercing even the latest-generation armors.

Thanks to e.g. thrust control, Eryx leaves its kevlar firing tube at very low initial velocity.

And can be fired from within even the most confined spaces, at ranges of up to 600 meters.

Fully guidable throughout its flight trajectory, in less than 4 seconds, Eryx reaches its target.

Result? Dramatically enhanced security and flexibility for your frontline troops.

And missile accuracy, at rocket prices.



Now a joint
Franco-Canadian
defense program

The last Arm of the LAW

The Improved M72 E-Series LAW

The heart of the lightweight multipurpose assault weapon, the M72 E-Series LAW, is the improved rocket motor which is applied to all E-Series configurations. This new rocket motor increases the rocket velocity from 150 m/sec for the former M72 to 200 m/sec for the M72 E-Series. This provides an extension in the system's effective range from 250 m to 350 m. The increased velocity also means a great improvement in the hit probability at all ranges and reduces the effect of possible range estimation errors. Important modifications to the launcher sighting system and firing mechanism also contribute to the attainment of a significant reduction in round dispersion when compared to the former M72.

M72E4

In order to defeat heavy armour the M72E4 penetration capability has been enhanced to a minimum of 330 mm.

M72E5

The M72E5 combines the battle proven terminal effects of the M72 warhead with superior hit probability at extended ranges of up to 350 m.

M72E6

The M72E6 provides further increases in effect against single, double and triple spaced armour on advanced infantry vehicles. The M72E6 ensures devastating behind-armour effects through increased penetration diameter, blast and fragmentation.

The M72 E-Series warheads also significantly increase fragmentation effects when launched against reinforced concrete walls and field fortifications. The low system weight - 3.5 kg - makes it extremely suitable for airborne operations. This one-man, portable weapon is prepacked in a low cost, disposable launcher.



MILAN 2



NOT 2



ROLAND 3

15 years of successful cooperation between the two leading Aerospace companies in Europe — AEROSPATIALE (France) and MBB (West Germany) — has led to development and production of extremely advanced and reliable anti-tank and anti-aircraft weapon systems. 300 000 missiles have now been sold to more than 40 countries and have been widely proven in combat. EUROMISSILE also shares with its customers the benefits of its unique expertise in the field of technological and industrial cooperation.



euromissile

12, rue de la Redoute, 92260 FONTENAY-AUX-ROSES
Tél. (1) 46 61 73 11, Telex 204 691 P
AEROSPATIALE / MESSERSCHMITT-BÖLKOW-BLOHM
FRANCE R.F.A.

NATIONAL INVENTORIES OF MAN-TRANSPORTABLE
GROUND AND AIR LAUNCHED ANTI-TANK WEAPONS SYSTEMS CAPABLE OF
PENETRATING TN-40 CASK

NATION	MANUFACTURING COUNTRY	WEAPON TYPE
Iraq	Various USSR Euro-missile European Consortium USSR	RPG-7V Sagger ATGW Hot ATGW Milan ATGW AT-4 Spigot
Iran	Various USA USA	RPG-7V DRAGON ATGW TOW ATGW ENTAC ATGW
Libya	Various Sweden UK USSR USSR USA	RPG-7V 84mm Carl Gustaf Swingfire ATGW Sagger ATGW AT-4 Spigot Tow ATGW
North Korea	Various USSR USSR	RPG-7V Snapper ATGW Sagger ATGW
Syria	Various USSR USSR USSR UK	RPG-7 Sagger ATGW Snapper ATGW AT-4 Spigot HOT ATGW
Cuba	Various USSR USSR	RPG-7 Sagger ATGW Snapper ATGW

NATION	MANUFACTURING COUNTRY	WEAPON TYPE
Serbia	Various	RPG-7
	USSR	Sagger ATGW
	USSR	Snapper ATGW
	USA	Dragon ATGW
Lebanon	USA	Tow ATGW
	Various	RPG-7
	European Consortium	Milan ATGW
	USA	Tow ATGW
Somalia	Various	RPG-7
	European Consortium	Milan ATGW
	USSR	Sagger ATGW